

1 MR. PRESTON: Dan Preston with IDC. I agree with
2 Beth. Our goal was to come here as one of the late comers
3 in the game and to demonstrate a delivery capability that
4 was consistent with the needs of public safety and within
5 the cost recovery, current cost recovery bounds and so on.
6 We've seen a marked improvement in the technology and I
7 reiterate what she says is, what we're really looking for
8 is, let's make sure we clearly define the requirements for
9 either network based or handset based, and let the markets
10 decide, let the wireless carriers decide which brand they
11 want to buy. Thank you.

12 MR. HATFIELD: Okay, thank you. I think we'll
13 wrap up here and start our break at this point. And since
14 we're breaking a little bit early, I think we can come back
15 right at 3:15 sharp and start the discussion part of the
16 agenda. Thank you.

17 (Whereupon, a short recess was taken.)

18 MR. HATFIELD: Okay, if we can get started again,
19 please? If we can have our panelists gathered, we can get
20 started, please? Okay, do we have everybody up front? If
21 we can get started, we're now into the discussion phase of
22 the round table, and what I'd like to do, we have a lot of
23 people up here at the table. Now, what I'd like to do is
24 start out by just going around the table and having each
25 person just identify themselves and their affiliation and

1 then after that, we'll actually start then, beginning with a
2 question from the Commission staff people upfront. And just
3 arrived is Tom Sugrue, whom I'm sure most of you know is
4 chief of our Wireless Telecommunications Bureau.

5 MR. SUGRUE: I'm Tom Sugrue from the Wireless
6 Bureau.

7 MR. SCHLICHTING: I'm Jim Schlichting, deputy
8 chief, Wireless Bureau.

9 MR. NETRO: I'm Ron Netro, engineering, the Policy
10 Division.

11 MR. HANNA: I'm Joe Hanna with the City of
12 Richardson and the President-Elect of APCO International.

13 MR. MILLER: I'm Bob Miller, technical issues
14 director for NENA.

15 DR. BIRCHLER: Mark Birchler of Motorola Labs.

16 MR. CEDERVALL: Mats Cedervall from Ericsson
17 Research.

18 MS. SILLANPAA: Anna Sillanpaa, Nokia.

19 MR. SMITH: Tony Smith from Nortel Networks.

20 MR. SOLIMAN: Samir Soliman, vice president of
21 technology, QUALCOMM.

22 DR. HILSENATH: Oliver Hilsenrath, U.S. Wireless.

23 MR. MALONEY: John Maloney, KSI.

24 MR. KAHAN: Dennis Kahan, SigmaOne.

25 MR. STILP: Lou Stilp, TruePosition.

1 MR. BELL: Walter Bell, SnapTrack.

2 MR. CHADHA: Kanwar Chadha, Sirf Technology.

3 MS. FRASCO: Beth Frasco, Aerial Communications.

4 MR. PRESTON: Dan Preston, IDC.

5 MR. SRINIVASIAH: Bhaskar Srinivasiah from GTE
6 Wireless.

7 MR. RUDOKAS: Ron Rudokas, Western Wireless.

8 MR. O'LEARY: Eamon O'Leary, AT&T Wireless.

9 MR. NIXON: Jim Nixon, Omnipoint.

10 MR. MONTGOMERY: Bob Montgomery, Nextel.

11 MR. CHADNEY: Tony Chadney, AirTouch.

12 MR. ECKERT: Bob Eckert, FCC.

13 MR. KNAPP: Julius Knapp, FCC, Office of
14 Engineering and Technology.

15 MR. HATFIELD: Okay, I'd like to start by thanking
16 the additional people for attending and participating today.
17 And I'll turn to my right in terms of first question. Jim,
18 did you have a question, Tom, or did you want to start off?

19 MR. SUGRUE: Well, I'll just pass over to Jim, let
20 me just say since I missed the first half and Dale may have
21 done the thank you and all, but I'm just honored to be at a
22 table with all this talent and intelligence. This is a
23 great treat for us and look forward to learning something
24 about these technologies, more about these technologies.

25 It would help me, particularly in this part of the

1 session, not to stimulate arguments or unconstructive
2 dialogue, but one of the parts so people can -- if you hear
3 something said that you think is just out of bounds, pick up
4 on it, or isn't quite accurate. Because, one of the
5 motivations for having this session was just in trying to
6 sort out maybe the various claims as to how these
7 technologies work and how they're working, and a fairly
8 universal theme from some of the users -- I spoke to
9 carriers in the public safety community, which is, to us,
10 all the technology advocates are advocates and, to some
11 extent, are overselling the current capabilities of their
12 systems.

13 Now, technology advocates are advocates, we
14 realize that. So where we're hearing these various
15 different things and we're trying to get a better handle on
16 it myself, so, again, thank you all for being here and I
17 look forward to a stimulating afternoon.

18 MR. HATFIELD: Jim?

19 MR. SCHLICHTING: I figured a good first question
20 might be whether the sort of other folks other than the
21 panelists who have joined us around the table this afternoon
22 are familiar with sort of alternative approaches like I know
23 there was mention of a hybrid approach during the earlier
24 session this afternoon. There was also a reference to
25 another hybrid systems and the like, and figured that maybe

1 a good initial question would be from sort of anybody around
2 the table as to whether there's any other systems that we
3 ought to be putting on the table a short description and the
4 like, for purposes of discussion?

5 MR. HATFIELD: Please identify yourself, since
6 we're sending this out over the Internet?

7 MR. SOLIMAN: This is Samir Soliman from QUALCOMM.
8 It has been pointed out that there are some drawbacks to
9 both approaches, the network approach and the handset GPS
10 assisted approach. But if you look at where each one of
11 these technologies failed, they complement each other very
12 well.

13 In areas where GPS has some problems, the network
14 solution works very well. In areas where the network
15 solution fails to deliver, GPS solutions works very well.
16 QUALCOMM is promoting the hybrid approach, where we fuse
17 measurement from the GPS constellation with measurement from
18 the network side. By measurement from the network side, we
19 mean forward link measurements done by the handset and
20 reverse link measurements or uplink measurements done by the
21 base station.

22 The three pieces of information, measurement from
23 the GPS constellation, measurement from the phone,
24 measurement from the base station, are fused together to be
25 used the best possible measurement or best possible

1 position.

2 MR. HATFIELD: Thank you. I think one of the
3 major issue areas we have to talk about is location accuracy
4 and so, if it's okay, I think we'd like to focus our
5 attention in that area for a few minutes.

6 MR. KNAPP: Thank you, Dale. One of the questions
7 that I was wondering about as we heard the presentations is
8 there were a lot of claims made about accuracy. To try to
9 get a better understanding about the measurements of
10 accuracy and whether those were taken under conditions of
11 actual use or with the phone isolated. So as a starting
12 point to some of the proponents, if you could just comment
13 on how they obtain the accuracy information?

14 MR. MALONEY: I'll start. My name is John Maloney
15 from KSI. All of the results that we published in the
16 record over the years for 94-102 docket are just normal,
17 cellular operations in the areas where we've been processing
18 the signals. So nothing has been done to particularly, say,
19 enhance the characteristics of the signals, no power spiking
20 or anything of that nature. They're just normal operations.
21 So that's the conditions under which we have operated.

22 MR. KNAPP: All the 600 millowatt handsets?

23 MR. MALONEY: Well, no, matter of fact, back in
24 1990 when we started, we were using three watts, whatever.
25 The small little phones didn't come along till later, but

1 yes, all the recent results have been with six watt phones.
2 They've been TDMA as well as amps. We're, as I mentioned
3 earlier, still in the process of implementing CDMA, but
4 others have done CDMA and perhaps they can comment.

5 MR. KAHAN: That is true. We also -- and for amps
6 and it may go down to six millowatts, as opposed to 600
7 millowatts, and we're doing tracking there, as well. And
8 I'm sure that the same is true for the network providers,
9 which don't really need to change the phones to do their
10 tests.

11 MR. HATFIELD: One question, one thing was
12 inherent, I think, in Julius' question, was the handset used
13 in sort of a normal position? You know, and that sort of
14 thing, it wasn't set --

15 MR. KAHAN: Completely normal.

16 MR. MALONEY: I might offer that he mentioned six
17 tenths watt or whatever. Turns out, when you use very old
18 phones or on the amps, they can't powered below the lowest
19 level power, so right now, even the phones that can go up to
20 zero and one don't do it anymore. The systems are
21 programmed not to command anything above level two. So
22 we're all down at 6/10 watts nowadays.

23 MR. STILP: In addition to what the others had
24 mentioned, TruePosition uses a fairly large number. In the
25 case of Houston, for example, there are in excess of 600

1 what we call ground truth spots, spaced, perhaps, every
2 couple tenths of a mile down roads. And so, when a location
3 is made on a standard phone and everything that Dennis and
4 John and Oliver said apply to us as well, we use standard
5 phones in all kind of positions, it's then compared
6 against -- that is, the location estimate is then compared
7 against known ground truth to determine what the accuracy
8 is.

9 MR. HATFIELD: Other comments?

10 MR. BELL: Yeah, in the report that we've released
11 to the FCC, which contains all of the details of our test
12 reports, we're very clear to specify the handset position as
13 well as the type of antenna used. And in the Tampa test, we
14 did a substantial number of the tests with those small
15 prototype antennas that could be commercialized being held
16 up in a normal usage situation up next to the head. We
17 agree with you that that is a very important parameter to
18 the test.

19 MR. HATFIELD: So let me make sure that everybody
20 we've heard from so far then uses it in a sort of normal
21 operating position, is that right? Is my understanding
22 correct?

23 MR. STILP: Yes, I get the distinction that ought
24 to be made, that some frequencies like GPS are sensitive to
25 how close one is to the body. At frequencies, which are at

1 much higher powers, transmitting at 600 millowatts, versus
2 on the order of negative 140, negative 150 DPM for GPS.
3 Once you're inside the vehicle, I think most people
4 acknowledge there's approximately seven to ten, according to
5 Dr. Birchler, there's approximately seven to ten DB loss in
6 the car, almost no matter where the phone is in the car.
7 That's about right?

8 DR. BIRCHLER: Generally.

9 MR. STILP: So you assume even less? So phone
10 position has less meaning in network type of testing, quite
11 honestly.

12 MR. BELL: I'm actually not sure I agree with
13 that. I think attenuation is attenuation. RF is RF. GPS
14 falls between the PCS band and the cellular band, so I
15 believe the attenuation factors are similar. GPS -- it's
16 true GPS signals are lower. They're actually below the
17 noise floor and that's why we have such an advance signal
18 processing approach to pull those out of noise. But
19 attenuation is attenuation.

20 MR. HATFIELD: Yes, do you want to continue down
21 the line?

22 MR. CHADHA: We haven't published any data to
23 assist as yet, but some of our partners have done testing
24 with GPS and handsets, and sort of standard environment, and
25 I agree with Walt that attenuation is going to be there,

1 whether it's a GPS signal or wireless signal. In some
2 cases, you know, you will have issues when you are indoors
3 or inside a car, both signals are going to have some
4 signals. But that's normal nature of the RF technology.

5 MR. HATFIELD: Was there a response, further
6 comment?

7 DR. HILSENATH: Just to further the issue of
8 measurement and some additional comment that I have. Yes,
9 wireless is actually looking at quite the substantial
10 investment that was made in referencing test data. Maybe
11 because of the fact that we're using calibration as part of
12 our training on the system, this is particularly important.

13 We have made an investment of a mix of GPS,
14 differential GPS dead reckoning and in some cases satellite
15 differential, in order to make sure that we have the
16 reference information we need in the cities, in the
17 downtowns, where GPS, we found out that commercial GPS has
18 major problems.

19 So we're using the reference that is very accurate
20 and is also post-processed for the reference of our testing.
21 I think that one of the major issues that refers to your
22 question, Dale, of how the phone is being used, there's a
23 fundamental difference between the network solutions and the
24 GPS, in the sense that as long as your call arrives to the
25 base station, typically a good network solution should be

1 able to locate it. It's the same channel.

2 The issue of if the call is attenuating five db's
3 or 10 db or 15 db, as long as your call arrives to the base
4 station, you should be able to be located.

5 In the GPS case, you're talking about two disjunct
6 processes. One is your call that needs to get to the base
7 station. Secondly, the GPS acquisition has to be right in
8 order to be able to pass on the location to whatever service
9 you're using. So we're talking about two different
10 processes. I doubt that any of the network solutions are
11 affected by the way the handset is being held or if it's on
12 the passenger seat or held upright near the ear of the user.

13 It's important to identify that through GPS, we're
14 introducing a separate, totally independent process with its
15 own datalink and link budget problem.

16 MR. HATFIELD: Could you identify yourself? I'm
17 sorry.

18 MR. SOLIMAN: Samir Soliman from QUALCOMM. To
19 continue with the test -- we do testing in two of the user
20 models. One of them, when the user holds the handset in a
21 dialing position, because we expect to get the position
22 before the call is set up, completely set up, and we also
23 use the user model when the user holds the handset close t
24 his ear, because we believe that there is impact between the
25 body and the antenna.

1 In both situations, we noticed they raise a
2 degradation due to the antenna, relative to the free space
3 propagation, but distance signal processing that will be
4 done on the GPS signal can enhance and help mitigate the
5 degradation that goes by the antenna body interaction.

6 MR. HATFIELD: Yes.

7 MR. CROSTER: I'm Norm Croster, SnapTrack, and
8 there was a statement just made that body blockage and other
9 effects will have minimal effect on network overlay type
10 operation. And I think the statement may possibly be true
11 in my view for a single base station, such as what U.S.
12 Wireless is proposing. But if you're talking about multiple
13 base stations receiving a single signal, I think body
14 blockage and location will, may very well or greatly
15 deteriorate the signal levels at one or more of those base
16 stations, thereby greatly reducing availability.

17 I'm not sure there's been a significant study in
18 order to assess this, but it's pretty clear that as you're
19 moving around, the, you know, the signal level in different
20 directions -- unless -- signal level in different directions
21 are going to vary perhaps very dramatically. So I mean,
22 there really needs to be quite a bit of testing to, I think
23 validate the claims that were just made.

24 Now, it may be the case that for the U.S. Wireless
25 system, with a single receiver that, in fact, you can do a

1 position fix whenever you can get a, whenever you can get a
2 communication in terms of the availability and the accuracy
3 of that approach. That's a whole new set of circumstances
4 that are quite different from the other triangulation
5 approaches, so I think that statement was a little bit --
6 greatly overstated in terms of the ability of network
7 systems to be able to handle degradations associated with
8 body blockage or locations. I just don't think that can be
9 supported in fact.

10 MR. STILP: Lou Stilp from TruePosition. I'm not
11 sure how long you want this debate to continue, but I can
12 tell you that there has been extensive amount of testing --
13 something on the order of four to five million location
14 records is not insignificant.

15 In calculating a location solution, TruePosition
16 is one example of a system. It goes out to as many as 190
17 different antennas in the system, in which to sample signals
18 and find out which antennas had the best view of where the
19 caller was. And so, even if some of what Mr. Croster said
20 were true and that the blockage would cause lack of signal
21 at one particular antenna, there are certainly a very large
22 selection of additional antennas from which to choose from,
23 to make every location solution possible.

24 MR. HATFIELD: Juli, do you want to follow up?
25 Sorry --

1 MR. ECKERT: I'd like to draw attention -- Bob
2 Eckert here with OET. I'd like to draw attention to the
3 comments on yield and I'd like to hear, actually, we didn't
4 hear from Mr. Preston or Ms. Frasco on whether their tests
5 are done in real situations? And so, it's this yield that
6 I'm concerned about.

7 Mr. Chadha talked about operating in a hot mode,
8 and if that affects yield as opposed to accuracy, then it
9 matters, it seems to me, whether you're in real situations
10 or test situations.

11 MS. FRASCO: Well, again, because E-OTD is
12 somewhat different from our better handset based
13 technologies in that it doesn't use GPS, the debate that
14 we've been having over exact locations of the handset during
15 test methods are not quite as critical. Because, it's
16 what's happening in the uplink and downlink are pretty
17 bidirectional.

18 But I can't say that the test results and the
19 trials that other manufacturers that I know of did you use
20 handsets in real user environments and real user situations
21 and used commercial-type handsets.

22 MR. PRESTON: Dan Preston from IDC. In the trial
23 in Seattle, we made about 20,000 calls and these were from
24 very real locations, buildings, in buildings, tunnels, under
25 forced canopy. The antenna placement was exterior from the

1 device. That was done very deliberately.

2 One of the issues that we looked at early on was
3 trying to capture variables in the system. We found that
4 the mapping systems available -- even the good mapping
5 systems available -- had error up to 400 feet. We went in
6 and did differential GPS drives, centerline drives and
7 corrected Seattle, Mercer Island, Northbend and so on. And
8 in an attempt to reduce all of the error in the system, what
9 we found at the end of the test, what we didn't want, was
10 somebody saying we really like the GPS solution, but you're
11 404 feet off to the northwest all the time, and that's
12 because the maps weren't good.

13 The benchmarks that we went to were GPS
14 differentially corrected to two centimeters and we used
15 these 92 benchmarks in downtown Seattle, so the results we
16 got were pure results. Since the trial, we have tested a
17 product from a company out of England called Symetricom. I
18 think the gentleman from SnapTrack also tried it. I believe
19 it's a product that is evolving and will have -- the issue
20 is called SAR, Selective Absorption Rates on tissue, and
21 this one apparently has some of the best characteristics.
22 Again, I think the gentlemen from SnapTrack have tested it
23 more extensively than us.

24 For us, the point was that the technology was
25 evolving to catch up to some of the need.

1 MR. HATFIELD: I'm not sure you responded to Bob's
2 question regarding yield. Could you do that?

3 MR. PRESTON: The yield, with respect to the
4 number of calls?

5 MR. ECKERT: Yes, the percentage where you got a
6 position fix?

7 MR. PRESTON: Oh, 100 percent of the calls
8 obtained the position fix. Ninety-four percent of the calls
9 were within the 410, 125 meters. We reported to you all of
10 the, there were 470 locations that were controlled and we
11 reported to the FCC, to King County Public Safety, all of
12 the data. We didn't throw out the top 10 percent nor did we
13 average it back. We felt that the best way to present the
14 data.

15 MR. HATFIELD: Can we get some other comments on
16 this question of yield? Yes?

17 MR. SOLIMAN: Samir Soliman from QUALCOMM. I'd
18 like to make a comment regarding accuracy. First, the
19 communication signal being used for both cellular and PCS
20 are designed for a two-way communication system, not
21 designed for ranging. Ranging signals needs to have a sharp
22 edge in time in order to complete exact position. Having a
23 sharp edge in time means huge band width that really goes
24 against designing a communication system. And there is some
25 from the mental, theoretical limits on how accurate you can

1 get with any designed communication system. The band width
2 that is designed so that the signal does not interfere with
3 the co-channels limit how accurate you can get with any
4 existing communication signal.

5 MR. HATFIELD: Others?

6 MR. CHADHA: This is Kanwar Chadha, Sirf
7 Technology. Some of the tests we have done in open
8 environment, typically, we get about 95 percent of the time
9 what we call 3D fix, which means we are seeing four
10 satellites or more. And yield is typically between 99 and
11 100 percent, but this is an open canyon environment. The
12 yield will be affected when you go indoors, and that's a
13 function of how indoors you go.

14 And I think one of the things we have to keep in
15 mind is trying to guarantee 100 percent yield with a
16 wireless environment is, to a certain extent, dreaming. I
17 mean, I have a cell phone here and it says, "No service."
18 So I mean, yield is a function of how strong the signal is,
19 where you are in the building and how good the coverage is.
20 Sometimes you will see GPS may get the location, but the
21 wireless link is not there. So we have to look at the
22 statistics of where those emergency calls are really made
23 with a wireless phone. They're not inside buildings,
24 typically. They're more outside, and GPS is a pretty
25 reliable technology, most of the time.

1 MR. HATFIELD: Yes, some more comments?

2 DR. BIRCHLER: Mark Birchler from Motorola. A
3 couple of points. I think one important thing to keep in
4 mind when we're talking about yield for E-911 is we should
5 be talking about probability of location coverage, given
6 that we have voice coverage. In other words, it doesn't do
7 you much good to have location if you don't have
8 connectivity to the wireless system, so it should be a
9 conditional type of parameter.

10 The second thing is that I think we can all agree
11 that there's no location system that's going to give 100
12 percent yield. As it was pointed out in this room, there's
13 no cellular coverage, if a site was added that gave us voice
14 coverage in this room, that you'd have to add two or three
15 more sites to get, perhaps, location coverage.

16 Now, I understand that location technology can be
17 far more sensitive than the voice systems, also, so you have
18 to factor that in. But we shouldn't imagine that any
19 location technology is going to be capable of 100 percent
20 yield, and this does affect, given the RNS definition, could
21 impact the ability of the industry to comply with field
22 location and accuracy.

23 MR. HATFIELD: Let's continue around, please?

24 MR. RUDOKAS: Ron Rudokas from Western Wireless.
25 I guess I'd like to try to address this issue of yield and

1 accuracy from a slightly different point of view. As an
2 operator -- and, I might add, the only rural operator that's
3 here, we like to think of the world from the standpoint of
4 our customer, and our customer in this case would probably
5 have the perception that if he can make a phone call, he can
6 be located.

7 So if I look at what's going on here and I believe
8 that all the people at this table are honest individuals, we
9 have no solution or we all have solutions, there are many
10 solutions to this problem, one way or the other. But it
11 looks like every one of these solutions has a lot of caveats
12 from the standpoint of calibration, use of multiple sites,
13 problems with in building coverage, costs, rooming and new
14 handsets.

15 So the issue, I think, is to kind of look at the
16 intent of the E-911 ruling and what it was supposed to do
17 for our customers or for the population in general. So I'd
18 like to focus on the ruling and the way the operators would
19 comply with the ruling and ask two questions along that
20 standpoint. And one of the questions for me when I look at
21 what's going on here, I do not have a way of knowing whether
22 or not I have actually complied to either the intent or the
23 letter of the E-911 ruling. There's really not enough
24 definition in the ruling for me to understand if I've met my
25 goal.

1 The other one is, even if I have met my goal to
2 comply with the ruling on some particular test day, what
3 happens to me as an operator on some subsequent day when
4 issues such as self-site maintenance, flood, or maybe a lot
5 of calls from an area that is previously unrecognized as a
6 bad service area make it impossible to meet that particular
7 specification that particular day? And I'll be happy to
8 hear anybody's response.

9 MR. HATFIELD: Any further comment on this
10 particular issue of compliance?

11 MR. PRESTON: Dan Preston with IDC. One of the
12 things we did do at King County's request was to drive
13 through, basically, a single tower covered corridor, which
14 is I-90 up out of Seattle, to what's called Snoqualmie
15 Summit. And what we saw in this tracking exercise,
16 basically we had only one tower coverage. In fact, I think
17 in some cases we had almost no coverage at the top of the
18 summit, but we were able to make the call.

19 But we were able to generate, or, in this case,
20 yield data, location data, for that, oh, probably, 35 mile
21 trek. The county over from us is a rural county like this
22 gentleman speaks to. And he says 95 percent of his calls
23 come from the top of Snoqualmie Summit, east out into the
24 prairie. And he thinks he's got only single tower coverage
25 the entire way.

1 A GPS or a handset based solution supports those
2 sorts of rural needs very well, and that's a large part of
3 America.

4 MR. RUDOKAS: I'd like to respond to that
5 particular comment. Although we are, indeed, a rural
6 carrier, one of the things, my guess is that your rural
7 carrier that you were dealing with has the same issue, is
8 that we have the same sorts of demands for our service as an
9 urban carrier, and we do end up using a lot of repeaters and
10 enhancers to provide coverage inside a building, shopping
11 malls, mine shafts, tunnels, that sort of thing.

12 So what I guess I'm trying to focus on is a little
13 bit of addressing the issues of this mandate in the FCC
14 ruling which doesn't specify that we all be driving around
15 in vehicles. Because, indeed, we have people who use their
16 phones in buildings, although not in this building,
17 apparently.

18 (Laughter.)

19 MR. RUDOKAS: But there is a fair amount of that
20 kind of an issue that we need to deal with, which makes GPS
21 very difficult. But there's some orthogonality here in
22 terms of solutions.

23 MR. STILP: Lou Stilp, TruePosition. I'm not sure
24 Mr. Eckert's question is being fully answered, at least from
25 where I sit here. Yield, in particular for handset

1 solutions, is very tied to the antenna. Motorola published
2 a paper that I think everyone has seen or is familiar with,
3 last summer, that showed a very wide performance when it
4 came to the type of antenna and where it was integrated into
5 the phone. And the Tampa results, and I can only go off of
6 the ex partes that are public here, that that's an inclusion
7 even out of Tampa, is that small, handset ties antenna
8 performance was comparable to larger GPS antennas only under
9 open sky conditions.

10 And when one goes through the results, there is
11 clearly a very wide variance in what percentage of location
12 attempts were actually successful, based upon what kind of
13 antenna was plugged into the phone. And again, most of the
14 testing -- Mr. Preston just mentioned that in Seattle, the
15 antenna was external, and we believe a lot of testing in
16 Tampa, the antenna was external. So you really have to tie
17 yield to the antenna. And again, I would suggest we need to
18 think about what kind of phones people are going to buy and
19 how those antennas are going to work in there when we talk
20 about yield.

21 MR. BELL: I need to respond to that, because
22 that's directed at SnapTrack and Motorola. Is this on?
23 Hello?

24 First, let me say that my colleague from
25 TruePosition widely quoted this paper from Motorola that is

1 now over a year old. There have been filings made that
2 correct that, and I would direct the attention of the FCC to
3 those filings.

4 Let me see if I can clarify this picture about
5 sensitivity and antennas. It is certainly true that
6 sensitivity is everything relative to GPS, because that's
7 really what drives the ability to let GPS work in indoor
8 settings and in urban canyons that it originally was not
9 designed for. That's really why we've gone to the
10 SnapTrack, was to apply high sensitivity techniques.

11 Thanks to some really good inventions by Dr.
12 Croster and a lot of hard work, we've been able to achieve
13 already a 20 db -- that's 20 db, not two db, but a 20 db
14 improvement in sensitivity over conventional GPS. Now,
15 clearly, you have to give some of that up for antenna
16 performance and other factors associated with integrating
17 this technology in the handsets.

18 The error budget, or the budget we set to give
19 that up was three db when we originally laid out the
20 technology. Now, currently, that's running about six db.
21 It varies with the different small antennas and it's been
22 coming down from where we started with, which was maybe
23 eight or nine db. But we are still working toward, with
24 handset manufacturers and antenna manufacturers, improving
25 the performance so we can reach this three db budget.

1 Now, in addition, we are continuing our work on
2 higher sensitivity and we've already laid out a program to
3 give us six or seven db more and I think several of the
4 other speakers have talked about GPS is really advancing
5 what you see now. It's not the ultimate in performance.

6 So we're working from both ends to deal with some
7 reduction in performance of antennas in enhanced
8 integration. We're working it from both sides, both
9 improving our sensitivity and getting the antenna
10 performance tuned up as much as it possibly can be.

11 MR. HATFIELD: Can we come back over here? You've
12 been very patient.

13 MR. CHADNEY: Yes, Tony Chadney from AirTouch
14 Communications and I have three questions relating to
15 accuracy and the conditions under which they were taken.

16 The first one I'll start off with is related to
17 this business of the type of environment in which the tests
18 are made. And from what I'm hearing here, there are issues
19 of whether this will perform well in a rural environment or,
20 if it does well in the rural environment, is it going to
21 perform in an urban environment well, and vice versa?

22 And the CDG recognize this, starting about a year
23 ago, and formed a test group to location forum and part of
24 that location forum was a test group. This test group was
25 to lay out conditions under which measurements should be

1 taken for all types of solutions, whether they be network
2 based solutions or handset based solutions. The idea was
3 that it would try and stress each one of these types of
4 solutions, in other words, find the worst case of conditions
5 where these solutions were going to perform.

6 And there is now at least a very comprehensive
7 document that was developed primarily that's been used in
8 the SnapTrack trials. And the Tampa results that were
9 referred to did follow that particular test plan. And it's
10 interesting to note some of the comments that are being made
11 about the deficiencies of the results from that particular
12 test program.

13 What I would ask from the people who have network
14 overlay solutions and again, when we put together this test
15 plan, we did try and think of particular environments where
16 we were really going to stress their systems and we were
17 talking about environments close to cell sites, for those
18 who have two site solutions and three site solutions.

19 Can I ask each one of the network overlay
20 providers whether they will be producing a set of results
21 that conforms to that particular test plan. Or, if there is
22 such a document right now, and as I said, this is a very
23 comprehensive document. It goes through and addresses in
24 building specifically as a category. So what is the yield
25 and the accuracy for in buildings alone? What is the